

WEST-WIDE ENERGY CORRIDOR)
PROGRAMMATIC ENVIRONMENTAL)
IMPACT STATEMENT.)

ORIGINAL

PUBLIC HEARING - AFTERNOON SESSION

Heard at the Elkhorn Conference Room
Holiday Inn Downtown
22 North Last Chance Gulch
Helena, Montana
October 27, 2005
2:00 p.m.

LAURIE CRUTCHER, RPR
Lesofski & Walstad Court Reporting
21 North Last Chance Gulch, Suite 201, Placer Center
Helena, Montana 59601 (406) 443-2010

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WEST-WIDE ENERGY CORRIDOR)
PROGRAMMATIC ENVIRONMENTAL)
IMPACT STATEMENT.)

PUBLIC HEARING - AFTERNOON SESSION

BE IT REMEMBERED, that the proceedings in the above-captioned matter was heard at the Elkhorn Conference Room, Holiday Inn Downtown, 22 North Last Chance Gulch, Helena, Montana, on the 27th day of October, 2005, beginning at the hour of 2:00 p.m., pursuant to the Montana Rules of Civil Procedure, before Laurie Crutcher, Registered Professional Reporter, Notary Public.

* * * * *

1 Whereupon, the following proceedings were
2 had:

3 * * * * *

4 MR. POWERS: Good afternoon. And thank
5 you for coming. On behalf of the Bureau of Land
6 Management, US Forest Service, and the Department
7 of Energy, I would like to welcome you to this
8 meeting to talk about West-Wide Energy Corridor
9 Programmatic Environmental Impact Statement.
10 That's the last time I'm going to try to say all
11 that together. My name is Scott Powers. I'm the
12 BLM national project manager, and I'm the lead for
13 the BLM for this particular project. I work for
14 our Washington office, but fortunately I live and
15 work out of Billings, Montana.

16 I would like to introduce the other
17 panel members who are representing DOE and the
18 Forest Service, Andrew McLean with DOE, and Julett
19 Denton with the National Forest Service. Would
20 you two like to say something briefly.

21 MR. McLEAN: My name is Andrew McLean,
22 and I'm representing the Department of Energy's
23 Office of Electricity Delivery Energy Reliability.
24 I want to welcome you all here, and thank you for
25 all your comments.

1 MS. DENTON: I'm Julett Denton from the
2 Forest Service, Washington office, and I thank you
3 for taking the time to come and give us your
4 thoughts and your opinions on how we were going to
5 structure and collect information on the scoping
6 process. I also have Terry Egonoff (phonetic) and
7 Ed Nestlerod (phonetic) from the Forest Service,
8 and they're back there somewhere. So after the
9 comment period, if you have any questions, or you
10 want to talk to us, they will be around.

11 Thank you for taking the time. We
12 really, really need your input, because once we
13 have gone through this process, as land managers
14 and stewards of the land, we'll have to live with
15 the decisions that we make. So it is important
16 that we get your thoughts, and we have something
17 that we all can live with. Thank you.

18 MR. POWERS: Thanks, Julett and Andrew.
19 Before we get into the purpose that we're here to
20 talk about today, the scoping process, I want to
21 give you a little bit of background on the project
22 itself, and explain why we're here, and why we're
23 undertaking this. And most of you may know some
24 of this, but I'll try to summarize it briefly for
25 those that might not be that familiar.

1 The Energy Policy Act that was signed by
2 the President on August 8, 2005 requires the
3 Departments of Interior, Energy, Agriculture,
4 Defense, and Commerce to consider the designation
5 of utility corridors for oil, gas, and hydrogen
6 pipelines, and electricity transmission
7 distribution facilities on federal lands in the
8 eleven contiguous western states. At this point,
9 we're interpreting that to mean lands managed by
10 the BLM and the Forest Service.

11 The Act also directs the Secretaries to
12 incorporate the designated corridors into the
13 relevant agency land use planning process, and to
14 comply and do the adequate level of environment
15 review in order to do that.

16 So what that means for the BLM and the
17 Forest Service is if we designate corridors, it's
18 a decision making process that has to be done
19 through the land use planning process. It's a
20 resource allocation decision that represents a
21 fairly significant action. And in order to
22 consider that designation, we have collectively
23 decided the best way to approach that would be by
24 doing a Programmatic EIS that addressed this
25 process on a west-wide basis.

1 Currently when we receive right-of-way
2 applications for linear facilities, by and large
3 they're not located within a designated corridor.
4 We have somewhat of a network of corridors around
5 the west on BLM managed lands, and I think the
6 Forest Service has a handful as well; but most
7 often those corridors stop at that administrative
8 unit boundary, and they don't really serve the
9 purpose of a corridor, and the utilities has to
10 plan on a much lengthier pipeline transmission
11 line or what have you. So they don't really do
12 much good from an infrastructure planning process.

13 We think that if we do an adequate job
14 of doing this Programmatic EIS, we can issue a
15 record of decision for each agency that will be
16 the basis to amend the relevant land use plans
17 west-wide at the same time. And once these
18 corridors are designated in the land use plans, if
19 we receive an application for a linear
20 right-of-way within that designated corridor,
21 because of the level of analysis that we're going
22 to do within the Programmatic EIS, we expect to be
23 able to tier off that EIS, and just do a site
24 specific Environmental Assessment.

25 For those of you that have done business

1 on federal lands, especially with major
2 right-of-way facilities, it's generally always
3 defaulted to an Environmental Impact Statement;
4 and by being able to tier off an existing EIS like
5 this, or land use plan decision, we think it
6 should significantly streamline and reduce the
7 cost of the permitting process. And the other
8 added benefit, as I mentioned before, from a
9 utility standpoint, it allows for better
10 infrastructure planning, or it helps you do a
11 better job of infrastructure planning.

12 Argon National Labs is going to assist
13 DOE, BLM, and the Forest Service in the
14 preparation of the Programmatic EIS. And like I
15 said, we have representatives of all three of the
16 agencies who will be here and available after the
17 meeting, if you want to have a one-on-one
18 discussion. We also have representatives from
19 Argon that are out in the hallway registering
20 folks.

21 For those of you may not be that
22 familiar with public scoping, in this particular
23 case, it's a 60 day process that started September
24 28th, and will conclude on or about November 28th,
25 whereby we're asking the public to tell us what

1 they think is important for us to address in this
2 particular EIS.

3 We have some alternatives, very general
4 alternatives that we've discussed and laid out in
5 the notice of intent announcing the preparation of
6 this EIS, but we haven't begun to develop any
7 alternatives that actually represent corridors on
8 the land. That's going to be done after we
9 receive your input during the scoping process.
10 And what we're hoping to receive from the public
11 is from a utility standpoint, what kind of
12 facility they want to put on the ground and
13 approximately where, and why is that important,
14 what makes that so significant that it should be
15 addressed in this process.

16 And from any other interested party, any
17 issues you may have associated with an action like
18 this, we need to hear from you during the scoping,
19 because it helps us define the scope of the
20 analysis for the EIS.

21 There's four ways that you can provide
22 input on this process, and we have them up here on
23 this poster. One is the way we're doing it today.
24 We are going to take formal testimony from those
25 that want to provide it in that fashion, and we're

1 going to record it. We have comment forms that we
2 would like for you to fill out if you prefer using
3 that method, and leave it with us, or mail it in
4 to us. You can comment on our web site. You can
5 send it by fax, or you can send written comments
6 directly to Department of Energy in Washington.

7 And if you elect to go that route, you
8 need to keep in mind that they still screen for
9 anthrax there, and it often disrupts the snail
10 mail process, and there's no guarantees that it
11 will always look the same as what you did when you
12 mailed it, from what I've been told. But there is
13 several avenues that you can take.

14 We're having scoping meetings in all
15 eleven western states over a two week period.
16 We're doing them from 2:00 to 5:00, and then 7:00
17 to 9:00 in the evening, and the same message is
18 going out to each one of those.

19 So we really encourage you to tell us
20 what's on your mind. We're going to issue, and
21 make available to the public in January, a summary
22 report of all of the input we receive at these
23 eleven meetings, 22 meetings actually since
24 there'll be two each day, and we hope to get a
25 draft Programmatic, a draft EIS out for public

1 review by next August.

2 The other provision of the legislation
3 that's extremely important, and why we're moving
4 so fast on this from our standards anyway, is that
5 we have to complete this process within 24 months
6 after the legislation was passed. In other words,
7 the plans need to be amended by August 7, 2007.
8 And that's warp speed for a process like this. My
9 personal feeling is I'm glad we only have 24
10 months to do it, or else it would take us 36 or
11 48, or whatever we were given.

12 So it's a challenge. It's going to be
13 extremely complex. We need as much involvement
14 and assistance by the public as we can get. And
15 so what I'm going to do is ask those people that
16 have signed up to come up and make a presentation,
17 for them to come up and make their presentation.
18 I'm not going to worry about time limits, unless
19 you decide to go on for an hour or so, because we
20 have plenty of time. I'd ask you to repeat your
21 name and who you're representing. I'm going to
22 turn this podium over so you can direct comments
23 as well to the panel, and to the audience, and the
24 recorder. Any questions on the process for today?

25 (No response)

1 MR. Powers: After we do the formal
2 comment presentation, we'll turn that off, and we
3 will open it up for a general discussion or
4 questions about the EIS process, and we'll try our
5 best to field them. If people want come back on
6 formally later on, we can turn it back on.

7 So I'll call the first person, Ray
8 Brush, Northwestern Energy. MT01

9 MR. BRUSH: Hopefully you'll be able to
10 see the maps that I brought and placed on the
11 easel over there in the far side of the room. My
12 name is Ray Brush. I represent NorthWestern
13 Energy. I'm the manager of Regional Transmission
14 Policy. NorthWestern appreciates the efforts that
15 the Department of Energy, Department of
16 Agriculture, and the Department of Interior are
17 doing to do this EIS, and help us get sited on
18 federal lands in the eleven western states.

19 NorthWestern is one of the largest
20 suppliers of electricity and natural gas in the
21 upper midwest and northwest, serving more than
22 617,000 customers in Montana, South Dakota, and
23 Nebraska. NorthWestern currently owns, and
24 operates, and maintains approximately 7,000 miles
25 of transmission, electric transmission, 50 KV and

1 above, and about 2,000 miles of natural gas
2 transmission in Montana. So we're a significant
3 player in the transmission game in the Montana
4 area. We anticipate submitting written remarks as
5 well as my oral remarks today.

6 Needs for the state of Montana, the way
7 we see them, is that right now we have over 2200
8 megawatts of generation in our generation
9 interconnection queue, and almost all of our
10 transaction is committed today to existing
11 resources. And so if new resources are added to
12 the state of Montana, we're going to be experts
13 somewhere. And so hence the need for corridors
14 for more transmission out of Montana to meet the
15 loads in the rest of the west.

16 Also our system is stability limited,
17 which means when we lose a line, our response to
18 that loss is very significant because we can lose
19 load if we aren't careful. And the areas in which
20 generation is planned to be located, in eastern
21 Montana, we're looking at coal and wind, mostly
22 coal development in this area; some coal up in the
23 Great Falls area; and a lot of wind in central
24 Montana.

25 And there are other transmission

1 providers in the state of Montana area also,
2 Western Montana Power Administration, and the BPA
3 and they also have generation interconnection
4 requests on their systems. Up in the Glasgow
5 area, for instance, there is about 500 megawatts
6 of proposed wind generation in that area.

7 So you can see there is a significant
8 need for new transmission in Montana, new
9 corridors to meet those needs.

10 Some of the things we think we need to
11 consider as we develop these corridors, one is
12 compatible uses, what uses can we put within the
13 different corridors, and to make sure that they go
14 along with each other; and also make sure we don't
15 rely too much on any one corridor, because of our
16 reliability criteria here in the west. If we have
17 more than one transmission line in a corridor, we
18 have to look out for common mode losses of that
19 transmission, and what effect that has on the
20 ability to lose power in the state.

21 But with that, we also think corridors
22 should be wide enough to handle multiple
23 facilities. We realize how difficult it is to get
24 facilities through Montana, and that places where
25 we can build transmission are very limited,

1 because we have to use mountain passes to get
2 through the mountains, and we have to look at
3 other impediments to transmission.

4 There needs to be flexibility in
5 corridors by designation. By flexibility, we mean
6 not be so hard on having exactly one place. We
7 have to be able to match up with jurisdiction
8 changes, places like BLM, Forest Service, or State
9 Lands, or private land. And we have to be able to
10 coordinate all those corridors across those
11 different pieces of land, so they match up into
12 one consolidated corridor.

13 Also we should meet with state
14 regulations, reporting with the Montana Facilities
15 Siting Act, for instance. We also need to be
16 sensitive to adjoining private property
17 constraints, such as conservation easements, and
18 visual impacts that might occur for private lands
19 as we look at corridors on federal property.

20 We need to develop a streamlined process
21 for facilities within designated corridors, so we
22 don't have to go through a long EIS process we
23 have to go through today, and hopefully go through
24 a much shorter one, as Scott mentioned earlier in
25 his comments at the starting of the meeting.

1 We expect this process to be an ongoing
2 process, not just a one shot process such as we're
3 going through today, but an ongoing process, and
4 we expect we'll hopefully have the departments
5 develop a process where we can add new corridors,
6 and modify new corridors as the needs arise. As
7 we move along in the future here, system
8 requirements are going to change and system needs.
9 Local growth may occur we don't expect. We need
10 to be able to add new corridors.

11 Also the Act itself anticipates this
12 will be an ongoing effort by federal agencies.
13 Section 368(c) indicates that this will be an
14 ongoing process, and work with utilities and other
15 interested parties, and will be able to modify
16 corridors and add new corridors. We expect this
17 to be an ongoing process, and hopefully be a
18 little more streamlined so we don't have to go
19 through all of these public meetings, and we
20 actually can have a process that we can work
21 through.

22 The corridors we're talking about,
23 hopefully selecting locations for corridors will
24 help minimize the environmental impacts. We don't
25 get away from them totally. We don't anticipate

1 that all of the corridors that we recommend will
2 be utilized, because there are only going to be
3 one or two projects that actually get built at any
4 one time. So we'll only be using one corridor or
5 several corridors together.

6 With that, I would like to talk about
7 some of the corridors that we're doing. I'll go
8 over by the map so I can read it. We will divide
9 the transmission corridors we'd like to talk about
10 into three groupings.

11 The first grouping are those corridors
12 we really expect to develop, and we expect to
13 develop them fairly soon.

14 The second grouping are ones that aren't
15 as important to get developed today, but offer
16 opportunities for the state of Montana to develop
17 its resources; and they also include corridors
18 that aren't necessary within our service
19 territory, and so they may be developed by other
20 parties.

21 The third set of corridors for electric
22 transmission are those that have a lot of
23 problems, a lot of environmental problems, and
24 constraints with the land use. So as we move
25 forward, that one will probably be the one least

1 likely to occur.

2 The first one I would like to talk about
3 goes from the Townsend area, down through Dillon,
4 all the way into Midpoint, Idaho, and this will
5 help integrate new generation in Montana.

6 The second corridor is from Townsend,
7 the same place. It goes over to Mill Creek over
8 by Butte, and then south into Idaho.

9 The third one goes from Garrison, which
10 is a BPA substation, located up just north of Deer
11 Lodge by Garrison, Montana, and it comes down
12 along this blue line, and then goes on into
13 southeastern Idaho.

14 Another one is from Colstrip. There's a
15 lot of generation being proposed in the Colstrip
16 area. So we propose upgrading or adding new
17 transmission from Colstrip all the way over to
18 Garrison, which is the BPA sub, if that is needed.

19 Also looking in the Great Falls area for
20 additional generation there, and so we're looking
21 at Great Falls to Garrison, going along the
22 existing 230 or 100 KV -- the 100 KV runs down
23 through here, this red line -- and cross over to
24 Garrison.

25 Another option would be to follow the

1 corridor for the existing 230 KV line over to the
2 Ovando area, and going from Ovando back down into
3 Garrison.

4 Also we're looking at how to get to
5 Townsend from Great Falls. One possibility is to
6 go down along the existing 230/100 KV corridor,
7 and coming through the Helena valley over towards
8 Townsend, which is south of Canyon Ferry.

9 Another option is to go along this
10 corridor between Broadview and Great Falls, then
11 drop down into Townsend just east of the Belt
12 Mountains.

13 Our second tier, these are the ones that
14 offer opportunities, but may not be developed the
15 soonest. One is from Colstrip, going down to the
16 Wyoming area. And this is a tie-in to some
17 transmission projects that are occurring in
18 Wyoming. One of those projects is from Wyoming
19 down into Colorado. Another one is a Frontier
20 project that you've probably heard about. They're
21 planning to built transmission lines out of
22 Wyoming to move about 12,000 megawatts to
23 California.

24 Another one is one that goes from west
25 of Billings, a substation we call Baseline, which

1 goes between Billings and Laurel, that goes down
2 into northern Wyoming near a place called Frannie,
3 right on the Montana/Wyoming border.

4 Also going north from Great Falls up
5 towards Shelby, we expect that corridor to be
6 developed. This is on the Montana/Alberta
7 transmission line, and looking at a corridor right
8 along through here for their transmission.
9 Northern Lights is looking at a corridor that goes
10 through this blue line here.

11 We also looking at the possibility of a
12 500 KV line that goes from Broadview, which is
13 near Billings, up through Great Falls, and then
14 goes over to Spokane. Where this line is
15 currently drawn, and it says, "Rocky Mountain area
16 transmission line," it won't get built here, or
17 even recommended for this area. It goes right
18 through the Bob Marshall Wilderness. We expect
19 that line to go more along this line here that
20 we've added, following red line up here to Hot
21 Springs.

22 Then the last corridor is this one that
23 goes from Ovando, over to Hot Springs, over to
24 Spokane. And even if we were going to go down
25 here and go through the Missoula area, is another

1 possible corridor for this area. There's a lot of
2 land use constraints through here that are going
3 to probably keep anything from getting built here
4 in the near term.

5 And so what we view at NorthWestern, the
6 most likely corridors for transmission expansion
7 are those that go south into Idaho, down through
8 this one here, also going from southeastern
9 Montana into Wyoming, are the most likely
10 corridors for development in Montana.

11 I've not talked about any corridors
12 going east out of Montana, and the main reason for
13 that is when it gets into the Dakotas, they have
14 the same transmission problems we have in getting
15 out of Montana. They have constrained
16 transmission. It's going to take a lot of
17 transmission to get into the Twin Cities, which is
18 really the load for that generation.

19 Other transmission projects, one thing I
20 was asked to mention. These little dots along the
21 border, those are entry points into the US from
22 Canada. It's important that we keep consideration
23 for corridors to those points, because there's a
24 lot of generation development occurring in Alberta
25 that wants to come into the US, and we need to

1 keep those options open for all of us.

2 And I did say that we're also a gas
3 pipeline company, and this is a map showing our
4 gas system. And what we plan to do in the future,
5 as need for capacity in our transmission
6 increases, is to parallel the existing gas
7 transmission line, or what we call loop service,
8 where we build ten, fifteen, twenty miles of line
9 to relieve a bottleneck along the transmission
10 line.

11 What we do is we put another gas
12 transmission about 40 feet or so away from the
13 current existing transmission line. It requires a
14 wider corridor than what we currently have, we
15 expect in the future to be expanding those
16 corridors through Montana, so we would like to
17 have those considered, because a lot of our
18 pipeline is on federal land.

19 That concludes my comments.

20 MR. POWERS: Thank you, Ray. We have a
21 member of the Montana House of Representatives
22 here, Mr. Allen Olson, and I was wondering if you
23 would like say anything, Mr. Olson.

24 UNKNOWN SPEAKER: He just stepped out to
25 move his car. He'll be back.

1 MR. POWERS: A couple things that I
2 forgot to mention. I did briefly touch on the
3 website. It's up and running, it's current, it's
4 going to stay current throughout this process.
5 It's the best source of easy access information.

6 I want to just tell you briefly about
7 the source of the map, because I don't want you to
8 think it's something that it's not. All it
9 represents are lines on a map that have been put
10 there over the years as an expression of interest
11 by a whole host of the utility folks around the
12 west. And actually it was used for awhile by the
13 Western Utility Group just to kind of raise the
14 level of interest in this project, and express the
15 need.

16 So with that, since we're waiting for
17 Mr. Olson, we'll go ahead with the next person,
18 Linda Bouck.

MT02

19 MS. BOUCK: My name is Linda Bouck, and
20 I am here today on behalf of Anaconda/Deer Lodge
21 County. I would first like to thank the
22 Department of Energy, the Forest Service, and the
23 Bureau of Land Management, as co-lead agencies for
24 hosting this meeting and starting the process of
25 compiling information necessary for designation of

1 energy transportation corridors. I do have my
2 testimony also written out, so I will give a copy
3 of that at the end.

4 This is an important process which is
5 critical to the orderly development of Montana's
6 energy resources, and to ensure the reliability of
7 energy supply in the NorthWestern United States.
8 Anaconda/Deer Lodge County is already the site of
9 a number of energy transportation facilities.

10 NorthWestern Energy has a 16 inch
11 natural gas pipeline which crosses the northern
12 portion of our county, and they also have numerous
13 transmission lines, ranging in size from 100 to
14 230 KV, entering the county, and come in from all
15 four points of the compass, and they converge at
16 the Mill Creek substation east of Anaconda.

17 The Bonneville Power Administration also
18 has a 230 kilovolt line and substation in our
19 county as well.

20 When designating potential energy
21 corridors for the future, and Anaconda/Deer Lodge
22 County would like to ask that the lead agencies
23 consider the following.

24 Number one, we would like to see
25 designation of every existing transmission

1 corridor with an electric transmission line
2 greater than or equal to 161 kilovolts as primary
3 transmission corridors.

4 In conjunction with this designation, we
5 would like to see adopted as a matter of policy a
6 rule which creates a preference for rebuilding or
7 upgrading those lines before constructing new
8 facilities. The environmental effects of existing
9 transmission lines have already taken place.
10 Service roads and other facilities needed to
11 upgrade, maintain, or repair the transmission
12 lines are present, and there should be no need to
13 do an extensive environment analysis.

14 In fact, the upgrade of existing
15 transmission lines, even if it includes
16 acquisition of some right-of-way to widen the
17 corridor, should be categorically excluded from
18 NEPA review.

19 We strongly endorse designating an
20 electrical transmission corridor beginning at the
21 500 KV substation in Garrison, Montana, moving
22 south through Powell, Deer Lodge, Butte-Silver
23 Bow, and Beaverhead Counties, into southern Idaho
24 as a way of moving the power to states south and
25 west of Montana, and to give Montana greater

1 opportunity to import electricity produced in
2 other states.

3 NorthWestern Energy has designated this
4 corridor as one option for connecting the Colstrip
5 500 KV transmission line with transmissions in
6 southern Idaho.

7 Four: A proposed corridor from Garrison
8 to southern Idaho offers several advantages over
9 other potential routes, including:

10 There are existing transmission lines
11 along this corridor, which can be readily expanded
12 to handle new lines, or a substantial upgrade of
13 an existing facility.

14 The route avoids major population
15 centers, and areas where there is extensive
16 suburban development, such as Helena and Gallatin
17 Valleys.

18 The route largely crosses land used for
19 livestock and grazing land, instead of crop
20 agriculture, and reduces the amount of potential
21 impact on agricultural operations. The route does
22 not impinge upon wilderness areas, national parks,
23 or other specially designated areas set aside to
24 protect wildlife, cultural, or recreational
25 amenity values. Most of the federal land that

1 would be crossed by this corridor consists of
2 grazing land.

3 And of course, probably most important
4 for our county, is the route crosses counties that
5 are in great need of economic development, and
6 this corridor would likely enjoy more governmental
7 and public support in those counties than other
8 potential routes.

9 Thank you for the opportunity to
10 testify, and we would look forward to working with
11 DOE and BLM as this process continues. Thank you.
12 I'll just hand mine to the secretary over there.

13 MR. POWERS: Mr. Olson, if you want to
14 say something.

MT03

15 REPRESENTATIVE OLSON: I appreciate the
16 efforts the BLM, DOE, and the Forest Service are
17 putting into this. This is something that is
18 definitely very beneficial to the state of
19 Montana. Any future development that we're
20 looking at in this state is going to be very
21 dependent on how this comes out.

22 I think Mr. Brush pretty much hit
23 everything on the head as far as what we're
24 looking for for corridor development, and I'm
25 going to sit back and listen to the comments, and

1 most likely have some written comments to send in
2 before the deadline.

3 MR. POWERS: Bob Marks from Jefferson
4 Local Development Company.

5 MR. MARKS: I'd like to postpone.

6 MR. POWERS: Those were the only three
7 folks that had signed up to provide any formal
8 testimony. Is there anybody else that would like
9 to at this point? Come on up, and state your
10 name, and who you're representing, please. **MT04**

11 MS. DOGGETT: Thank you. My name is
12 Jamie Doggett. I'm a Commissioner from Meagher
13 County, which is the county just to the east of us
14 here. And I also wish to extend my thanks to you
15 for giving us the opportunity to participate in
16 this process. And I apologize to the woman is
17 going to be trying to type out all of these
18 numbers I'm going to give you in a second.

19 I think a good outcome for us, I would
20 like to propose a corridor that wasn't listed
21 previously. I would like to see, and my
22 constituents, to have the 100 KV transmission line
23 from Rainbow Dam, which is near Great Falls, to
24 Harlowton upgraded to a 230 KV from Two Dot to
25 Loweth -- which is a former Milwaukee Railroad

1 substation -- from Two Dot to Loweth, transmission
2 line upgraded to a 230 KV; a 230 to 500 KV
3 substation constructed near the existing Loweth
4 substation, and interconnected to it; and
5 restructuring an upgraded 230 KV line from Loweth
6 to Three Forks along the right-of-way where the
7 old, now burned, 100 KV line used to run.

8 All of the transmission suggested would
9 be built within existing right-of-ways. Also the
10 Western Area Power Administration is constructing
11 a 230 KV substation at Rainbow Dam, and a 230 KV
12 transmission line along the highline that would
13 terminate at Rainbow.

14 My proposal would create an integrated
15 230 to 500 KV system along the northern, central,
16 and southern portions of Montana. It could be
17 done without opening any new corridors, and my
18 suggested plan ties into existing plans that the
19 Northwest Area Power Administration and others
20 have for transmission expansion.

21 Most of this power is generated, or
22 primarily a lot of this power comes from wind
23 generation. There is a new wind generation plant
24 just established between Lewistown and Harlowton,
25 Judith Gap, and there are other transmission or

1 power station wind generation stations being
2 developed within Meagher County.

3 As the lady from Anaconda/Deer Lodge
4 said, we are from counties that desperately need
5 economic help, but we also have I think something
6 that we are able to give. It would be a great
7 opportunity for us to finally put that wind to
8 use. Thank you for your time.

9 UNKNOWN SPEAKER: Is there going to be
10 an opportunity for just questions?

11 MR. POWERS: Yes, there is, as soon as
12 we finish with the formal presentation. Is there
13 anybody else that wanted to speak? MT05

14 MR. MARKS: My name is Bob Marks. I'm
15 representing myself, and also Jefferson Local
16 Development Corporation. I wasn't quite sure what
17 I would expect here, and I thought we'd get more
18 of a presentation than we have so far, so we could
19 comment on that. The gentleman from NorthWestern
20 Energy gave us an indication of what their plans
21 were, but there wasn't any definition as to
22 whether those power lines or corridors would be
23 operated by NorthWestern Energy or by others.

24 We've had an experience in southwest
25 Montana, and also western Montana, twenty some

1 years ago with the construction of the corridor
2 from Colstrip, to Taft, to Hot Springs, and so on,
3 in western Montana, some of which involved a
4 federal agency, the BPA. I think there's a
5 concern -- and I'll speak some for the counties.
6 I appreciate the comments made previously.

7 Sometimes when those corridors go
8 through, the operators and the owners of those
9 facilities are privately held. They have a
10 significant tax base. Other times they are, for
11 whatever reason, owned by public entities, which
12 may or may not have a tax base to the local
13 entities. Part of the sting of having a high
14 power line going through your community is
15 alleviated somewhat by the amount of resources
16 local entities get from that. I think the people
17 speaking on behalf of the counties appreciate that
18 help from the taxation that comes back to help
19 their local schools.

20 I would hope that when these corridors
21 are developed, that in the development of the EIS,
22 you also take into consideration some of the lands
23 other than government lands that you're going to
24 have to go through. There isn't a blanket of
25 government land from any of these places to any

1 other place in the state that doesn't have to
2 cross private land. While one of the commentators
3 mentioned that they wouldn't dare go through the
4 Bob Marshall Wilderness, some ranchers I know have
5 the equivalent value on their land as other people
6 who don't own any land have on the Bob Marshall.
7 So I hope that you consider that.

8 I think it's going to be difficult to
9 make a comment on the EIS because we don't know
10 what we're talking about. We're talking about a
11 generic process, rather than an intimate process,
12 where we could talk about locations. And I think
13 that's extremely important for people to consider
14 when they make comments as to whose ox is going to
15 get gored, meaning the private land owners and
16 other entities. It's hard to comment whether a
17 line from Townsend to Idaho is going to cross my
18 ranch or my neighbor's ranch, when you don't know
19 for sure where it's going.

20 I think it would be important, either in
21 the scoping process or another process, to
22 identify those peculiar areas, particularly so
23 people can make meaningful comments. I don't see
24 how federal agencies can ignore the needs and
25 wishes of private land owners. Even in some of

1 the areas that are generally considered BLM or
2 Forest Service, you're going to have in-holdings
3 there that will be impacted as well.

4 I think the other thing that I'm
5 concerned about is from some experience. When
6 some of the private utility companies propose
7 power lines, it ends up becoming a public entity,
8 such as BPA. I think both Broadwater County,
9 Jefferson County, and four counties west of here
10 encountered that some years ago when BPA built the
11 line. I'm not sure what the motive was, but part
12 of it was to dodge some of the issues on the part
13 of the private power company -- at that time
14 Montana Power Company -- to meet some of the
15 criterias necessary as a private entity that BPA
16 didn't have to go into.

17 Since that time, the people who use that
18 line pay a beneficial use tax to the local
19 counties that that line passes through. The total
20 valuation is \$65 million. I think it's really
21 important, while it may not be important to you
22 people doing the EIS, it is really important to
23 people who have to live under the darn thing. I'm
24 not opposed to building power lines, but I think
25 there's a bunch of these things that you have to

1 take into consideration, or should. I think you'd
2 be derelict not to.

3 I hope that during the rest of the
4 afternoon, people can give some more specific
5 location opportunities, so we can comment on them;
6 but so far today I see nothing we can comment on
7 meaningful, other than we have a cup of coffee.
8 Thank you.

9 MR. POWERS: Thank you very much. Also
10 I want to acknowledge that Charlene Snoddy
11 (phonetic) representing Senator Burns is here. I
12 appreciate your attendance. I understand you
13 don't wish to make a statement at this time.

14 Is there anyone else that would like to
15 make a statement?

16 (No response)

17 MR. POWERS: One thing, Mr. Marks, when
18 the draft of the Environmental Impact Statement
19 will have a whole variety of alternatives and
20 proposed locations, that will ask people to
21 provide comment on it in the 90 day comment period
22 and when the final decisions are made, it can be
23 all or any combination of any of those
24 alternatives that were considered in the EIS
25 process, so they will have an opportunity to make

1 adjustments based on the public feedback.

2 Anybody else want to make public
3 comment? Let's turn that off, and then we'll see
4 if there's some questions.

MT06

5 (Off the record briefly)

6 MR. MELTON: I'm Jim Melton. I'm an
7 environmental consultant. I work for a company
8 called Maxim Technologies. We have five offices
9 here in Helena, and seven offices within the 13
10 states that are being considered for this study.
11 I assume it's 13 states. I don't apologize for
12 being a consultant. I worked for BLM for almost
13 20 years in land use planning and analysis, and
14 DOE for about five and a half with Western Area
15 Power Administration.

16 I guess the comments I wanted to make I
17 think is just to share, for everyone's
18 information. I've worked on and seen a number of
19 Programmatic EIS's, and maybe the gentleman's
20 concern about the generic type of study is an
21 important one. But I guess I don't see much
22 relief in the guidelines, or NEPA policies, or
23 CEQ, because you're doing a Programmatic EIS in
24 terms of level of detail.

25 But I do think it's important, and it's

1 required to really set some guides in this early
2 stage about the level of detail that's required,
3 how that detail relates to the responsibility for
4 addressing significant impacts, how it relates to
5 reasonable foreseeable development scenarios that
6 are also required, as well as cumulative impact
7 analysis, as most of the NEPA folks that have done
8 these kind of projects know.

9 So I think it's really important to try
10 to establish, and kind of set out, if you will,
11 some key guidelines as to how specific, and what
12 the level of detail would be, how it relates to
13 existing data bases.

14 If I've learned anything in my 35 years
15 of doing EIS's, it's that consistency in data and
16 data flow, in terms of how it's presented in the
17 EIS, is very critical. And I know that there is a
18 lot of good plans out there, a lot of great land
19 use plans. A lot of them at BLM and Western Area
20 Power, I've worked on, as well as consultants. We
21 should take advantage of that data, and not try to
22 duplicate it.

23 So establish very early what the level
24 of detail is, and how you can use that data,
25 that's already there, that's in existing land use

1 plans and EIS's, to record the information that
2 you need in order to make the decision among those
3 alternatives.

4 So I think there is a great deal of
5 detail out there. I know there is. I've already
6 worked on several plans myself.

7 There is an also an issue I have, and
8 that's that there's several ongoing management
9 plans. There's always going to be an ongoing land
10 use plan and EIS basically in any state. I find
11 the Bureau and the Forest Service perplexed -- and
12 I have found that in my own career, so I'm not
13 pointing any fingers.

14 As an employee, I can say that we always
15 had a great deal of difficulty establishing
16 uniformity with our corridors and right-of-ways as
17 they relate to individual neighboring field
18 offices, much less states. So I know that there's
19 a great deal of inconsistency, as the person from
20 NorthWestern Energy has pointed out, just from the
21 private standpoint. There's a number of key
22 corridors, there's a number of new needs, but a
23 lot of the lines done in some of the current
24 plans, as well as past plans, do not line up.

25 So there is another level, if you will,

1 or cut, if you will, that needs to be made as to
2 what are we really searching for, what is the
3 requirement to address it, and how can we
4 establish a framework that could take advantage of
5 the existing data; align lines that don't match
6 that should; establish the key qualifier in terms
7 of the level of detail that's required and the
8 type of GIS meta data that is going to be needed
9 to verify accuracy; so that once you establish
10 these lines, they won't be found inaccurate when
11 they're checked on the ground.

12 And basically do a real extra effort
13 early on, now, to gather what information is out
14 there and what isn't, and what has to be
15 available, so that you can really have a good
16 study, so several alternatives aren't found to be
17 invalid, and you really get a good preferred
18 alternative to make a selection on.

19 So that's pretty much my comments. I
20 just wanted to say that this is a very timely
21 effort. The Governor and several other governors
22 just last week in Bozeman at the Energy Conference
23 talking about the need for a private and public
24 agencies to support energy development. And if
25 there is one thing that will do that, it would be

1 corridors that are accurate, that you can count
2 on, whether it's a private company or private land
3 owner. So thank you.

4 MR. POWERS: Thank you, Jim. Is there
5 anybody else that would like to make any
6 statements?

7 (No response)

8 MR. POWERS: This concludes our
9 recording of formal input, and now we're leave it
10 open to informal discussion. If you have any
11 questions, or if you don't want to ask questions
12 now, when we break, we can do it on a one on one
13 basis. There's some other BLM employees here as
14 well, and are there any questions?

15 Let me qualify. I didn't mean to imply
16 earlier that everything that is recorded is going
17 on the website. None of it is going on the web
18 site. What we're trying to do on the website is
19 to help people understand the process, and when we
20 get questions at these meetings, we're going to
21 start writing them down, so that we can put those
22 questions and answers on the web site, just as a
23 way of providing more information.

24 (The proceedings were concluded
25 at 2:56 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

STATE OF MONTANA)

: SS.

COUNTY OF LEWIS & CLARK)

I, LAURIE CRUTCHER, RPR, Court Reporter,
Notary Public in and for the County of Lewis &
Clark, State of Montana, do hereby certify:

That the proceedings were taken before me at
the time and place herein named; that the
proceedings were reported by me in shorthand and
transcribed using computer-aided transcription,
and that the foregoing -37- pages contain a true
record of the proceedings to the best of my
ability.

IN WITNESS WHEREOF, I have hereunto set my
hand and affixed my notarial seal
this 15th day of November 2005.

Laurie Crutcher

LAURIE CRUTCHER, RPR
Court Reporter - Notary Public
My commission expires
March 9, 2008.